


AGO Exhibit 49

2007 testimony of Clint Marshall, vol. 11, pp. 2911-70 [direct examination]



STATE OF NEW MEXICO
WATER QUALITY CONTROL COMMISSION

WQCC 03-12(A) and WQCC 03-13(A)

IN THE MATTER OF:
APPEAL OF SUPPLEMENTAL DISCHARGE
PERMIT FOR CLOSURE (DP-1341) FOR
PHELPS DODGE TYRONE, INC.

PHELPS DODGE TYRONE, INC.,

Petitioner.

TRANSCRIPT OF PROCEEDINGS

BE IT REMEMBERED that on the 6th day of
September, 2007, the above-entitled matter came before
the New Mexico Water Quality Control Commission, taken
at the New Mexico State Capitol Building, Room 309, 490
Old Santa Fe Trail, Santa Fe, New Mexico, at the hour of
8:36 a.m.

VOLUME 11

1 A P P E A R A N C E S

2 For the Water Quality Control Commission:

- 3 CINDY PADILLA
- MIKE SLOANE
- 4 MAXINE GOAD
- PEGGY JOHNSON
- 5 STEVE GLASS
- HOWARD HUTCHINSON
- 6 LARRY DOMINGUEZ
- CHERYL BADA
- 7 MARK FESMIRE
- GLENN VON GONTEN
- 8 GREG LEWIS

9 SALLY MALAVE
Assistant Attorney General
10 Office of the Attorney General
 Post Office Drawer 1508
11 Santa Fe, New Mexico 87504

12 For New Mexico Environment Department:

- 13 CHARLES DE SAILLAN
- TANNIS FOX
- 14 Assistant General Counsel
- Office of General Counsel
- 15 New Mexico Environment Department
- 1190 St. Francis Drive
- 16 Santa Fe, New Mexico 87505

17 For Phelps Dodge Tyrone, Inc.:

- 18 MODRALL, SPERLING, ROEHL, HARRIS & SISK, PA
- Attorneys at Law
- 19 500 Fourth Street, Northwest
- Suite 1000
- 20 Albuquerque, New Mexico 87102
- By: STUART R. BUTZIER
- 21 JOHN J. KELLY

22 GALLAGHER & KENNEDY, PA

23 Attorneys at Law

 2575 E. Camelback Road

 Phoenix, Arizona 85016-8000

24 By: DALVA M. MOELLENBERG

1 A P P E A R A N C E S (Continued)

2 For Gila Resources Information Project:

3 NEW MEXICO ENVIRONMENTAL LAW CENTER
4 Attorneys at Law
5 1405 Luisa Street
6 Suite 5
7 Santa Fe, New Mexico 87505
8 By: R. BRUCE FREDERICK

9 For Watermatters, LLC:

10 CHARLES L. NYLANDER
11 President
12 28 Vallecito Road
13 Santa Fe, New Mexico 87506

14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

WITNESSES:

MARY ANN MENETREY

Recross Examination (Continued) by the
Commission

PAGE
2734

Recross Examination by Mr. Frederick

2761

Recross Examination by Mr. Butzier

2876

CLINT MARSHALL

Direct Examination by Mr. de Saillan

2911

the 1990s. The authors of the present study have been involved in the development of a number of programmes for the promotion of mental health in the workplace, and have been particularly interested in the development of self-help programmes for the management of stress. The present study was designed to evaluate the effectiveness of a self-help programme for the management of stress in the workplace.

The programme was developed by a team of researchers from the University of York, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress. The programme was developed over a period of several years, and was based on a number of research studies. The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress.

The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress. The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress.

The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress. The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress.

The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress. The programme was designed to be a self-help programme, and was based on a number of principles. The first principle was that the programme should be designed to be self-help, and should not require the assistance of a professional. The second principle was that the programme should be designed to be easy to use, and should not require a lot of time or effort. The third principle was that the programme should be designed to be effective, and should be able to help people to manage their stress.

1 MS. PADILLA: Come back on the record, and
2 we'll move to Mr. de Saillan with your next witness.

3 Just a quick reminder. It's five until 4:00.
4 We do need to vacate the room by 5:30, so keep that in
5 mind in terms of the presentation and your schedule.

6 MR. DE SAILLAN: Thank you, Madam Chair.

7 For our next witness, the Environment
8 Department calls Mr. Clint Marshall.

9 And Mr. Kevin Myers is here, as well. He's
10 going to be our audiovisual man for today.

11 CLINT MARSHALL

12 having been first duly sworn or affirmed, was
13 examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. DE SAILLAN:

16 Q. Please state your name.

17 A. Clint Marshall.

18 Q. What is your current position?

19 A. I'm presently employed as a senior
20 hydrogeologist with the Groundwater Quality Bureau of
21 the New Mexico Environment Department.

22 Q. And how long have you held the position of
23 hydrogeologist in the Groundwater Quality Bureau?

24 A. Fourteen years.

25 Q. Could you please describe your education and

1 relevant experience?

2 A. I have a bachelor's of science and a master's
3 of science in geology from the University of Houston. I
4 have also completed a summer program in groundwater
5 hydrology at Oklahoma State University.

6 I was employed as an exploration geologist
7 with Marathon Oil for four years in Midland, Texas. I
8 also did a brief stint with the Environmental Protection
9 Agency in Dallas in the RCRA permitting program.

10 Q. And what are your responsibilities as senior
11 hydrogeologist at the New Mexico Environment Department
12 Groundwater Quality Bureau?

13 A. I oversee all aspects of discharge permits
14 under the Water Quality Act, including operations,
15 monitoring, reclamation and closure of mine facilities.
16 I conduct facility inspections, observe fieldwork,
17 including site investigations. I monitor facilities for
18 compliance. I review engineering plans and
19 specifications. I conduct enforcement actions pursuant
20 to discharge permits and abatement plans.

21 I oversee all operational and closure issues
22 related to the Tyrone Mine. I'm also the permit lead
23 for five operational permits and the closure permit,
24 DP-1341, at the Tyrone Mine. I'm also the operation
25 team leader for all mining discharge permits in the

1 State of New Mexico.

2 Q. Mr. Marshall, I'd like to direct your
3 attention to your written testimony, which is NMED
4 Exhibit Number 15, and I want to ask you if there are
5 any little corrections that you want to make to that
6 written testimony.

7 A. Yes, there is.

8 We could begin on page 3, at the top. The
9 very first line continues from the previous page, and it
10 says "would fill within 40 to 50 years -- 40 to 50
11 years." That should state "would begin to fill within
12 40 to 50 years." So there's a couple of words that need
13 to be inserted there.

14 If we move down to the fifth line of that same
15 page, the first two words say "five-fold." They should
16 say "four-fold."

17 Moving to the next page, that would be page 4
18 of my written testimony, the third line down from the
19 top, about the center of the page, it says "Precambrian
20 Burro Mountain granite." It should say "Tertiary quartz
21 monzonite."

22 Want me to repeat that?

23 MR. SLOANE: That would be good.

24 MR. MARSHALL: Tertiary quartz monzonite.

25 It's a type of rock. Maybe not real

1 important, but --

2 MS. GOAD: Tertiary quartz what?

3 MR. MARSHALL: Tertiary quartz monzonite.

4 MS. MALAVE: Instead of the granite?

5 MR. MARSHALL: Instead of the Burro Mountain
6 granite, correct.

7 MS. MALAVE: Oh, all of that should be
8 deleted.

9 MR. MARSHALL: Right. The "Precambrian Burro
10 Mountain granite" should be scratched.

11 And moving to the page 8, third line from the
12 bottom, the line starts off "scenario after the pits
13 fill up." It should read "scenario after the pits begin
14 to fill up." So again, inserting the words "begin to."

15 That's it.

16 MR. DE SAILLAN: Thank you, Mr. Marshall.

17 And again, the Environment Department would be
18 willing, if the Commission would like, for us to provide
19 some replacement pages, but --

20 MS. PADILLA: I don't think that's necessary.

21 MR. DE SAILLAN: If you don't think that's
22 necessary, then we won't.

23 Q. Now, Mr. Marshall, let's move on to the
24 hydrology and geology of the Tyrone Mine.

25 And before you begin, I'd like you to explain

1 NMED Exhibit Number 17, which I understand you're going
2 to be referring to in this part of your testimony.

3 A. Yes. Madam Chair, members of the Commission,
4 we've got -- actually, you all have copies of these
5 exhibits in front of you. I'll be working off the --
6 the posters here behind me. Actually, at one point,
7 I'll have two easels up here, but we'll start off with
8 one.

9 We also are providing the slides up here on
10 the screen just in case we need to kind of look up close
11 at some of the exhibits, at least for my -- my exhibit
12 anyway. We'll have them up here on the screen. They
13 may be used in some other people's exhibits.

14 And I'd just like to start off talking about
15 this presentation that -- actually, my presentation
16 really focuses on the lower half of the Tyrone Mine.
17 That's what's referred to as the central mining
18 district. It's where all the stockpiles and the pits
19 are located.

20 However, after a -- seeing all this discussion
21 yesterday on just the tailings, I'm a little bit
22 regretful that maybe I didn't include that, as well,
23 especially after seeing what Tyrone is presenting in
24 their case. Therefore, I will try -- I will be relying
25 to maybe a little bit extent.

1 If we do want to talk about the tailings to
2 any great extent, I'll use Mary -- Ms. Menetrey's
3 Exhibit 13, which includes the entire mine site,
4 including the tailings.

5 Also, Mr. Blandford has been very kind to
6 provide me with all of his exhibits, as well, because
7 Daniel B. Stephens always has the best maps at these
8 hearings. Their exhibits are excellent. And actually,
9 when it comes down to talking about mine boundaries, I
10 really have to rely on their exhibits, because ours
11 really don't have that boundary.

12 Working for the Groundwater Quality Bureau, we
13 don't really deal with boundaries too much.

14 First of all, though, I would like to start
15 off with Exhibit 17. And we can turn down the lights
16 maybe a little bit to see that better, and if -- now,
17 Exhibit 17, this is a geologic map of the lower portion
18 of the Tyrone Mine. It's a little bit more detailed
19 than Mr. Shomaker's map. And if you -- if you all
20 remember that from the part one of the hearing, he
21 provided a more general geologic map.

22 This is really much more focused. This map
23 was produced by Daniel B. Stephens, which is
24 Mr. Blandford's company. It was provided to us in one
25 of Phelps Dodge's reports. And we're just using it here

1 to talk about the geology. I think it's one of the best
2 maps we have, just to talk about the general geology in
3 the area.

4 So I'd like to explain a few things on the map
5 first. And I know the colors really don't come out so
6 well on the -- on the screen up there, but if you'll
7 refer to your handouts.

8 Again, this is the lower portion of the
9 mine -- of the Tyrone Mine.

10 And you'll see a gray line actually that kind
11 of wiggles down through the -- through the different
12 colors on the map. And you'll recognize it looks
13 actually fairly similar to the MMD boundary. And it may
14 be. I actually can't vouch for that at this point,
15 because I didn't make the map. But it's -- it seems to
16 be very close to the MMD boundary. And the MMD boundary
17 does kind of -- it has moved around a little bit in the
18 past, especially down in the southwest corner, where
19 they've added some property.

20 But that kind of gives you an idea of the
21 location of the mine itself since the mine disturbances
22 aren't on here.

23 Now, we've got a -- again, just to orientate
24 yourself, we've -- up to the southeast, on the southeast
25 flank of the mountain, we have the Little Burro

1 Mountains, that run in a northwest/southeast direction.
2 And then down to the southwest of the mine -- and I'm
3 pointing to the lower left-hand corner of Exhibit 17 --
4 the Big Burro Mountains are located on the southwest
5 flank of this map.

6 Now, we've got three different colors -- or
7 actually four different colors of rocks in this area.

8 The pink color represents the quartz
9 monzonite, Tertiary quartz monzonite. This is an
10 intrusive body, and this rock primarily holds the copper
11 deposits, the intrusive rocks that Tyrone is presently
12 mining for copper.

13 The green is the Burro Mountain granite. It's
14 Precambrian in age, and especially the country rock. I
15 believe this is also the rock that makes up most of the
16 Big Burro Mountains, which is located southwest of the
17 site. But it does exist within the mine area itself.

18 This dark yellow, kind of orange color is
19 what's referred to as the Gila Conglomerate. We've
20 heard a lot of discussion about that. This is a
21 Tertiary or maybe a Quaternary deposit, also, that
22 actually overlays the igneous rocks, the quartz
23 monzonite, the -- the Cambrian granite, as well as some
24 volcanics in the area. It's a valley fill. It kind of
25 filled the low spots that occurred after faulting in

1 this area.

2 Now, the light yellow -- the light yellow is
3 alluvium, and it follows the major stream drainages in
4 the area. And I'll talk about those more in a minute.
5 But this map here actually shows probably, for the most
6 part, where the locations of a lot of those alluvium
7 channels are. And we'll talk about the alluvium a lot
8 more later in my talk.

9 But this probably gives the most detailed
10 picture of where a lot of those channels -- although not
11 all of them, by any means, lie.

12 Now, you see a bunch of black lines running
13 through the map. These are the faults in the area.
14 Some are smaller than others. But you can see an
15 obvious grain that kind of orients itself kind of in a
16 north -- in a southwest/northeast direction through the
17 mine area. A lot of this faulting is perhaps associated
18 with the igneous intrusion which brought in the copper
19 deposits which Tyrone Mines. So the area is heavily
20 faulted.

21 I'd like to talk about some of those faults
22 now, some of the major faults anyway, because this is
23 what affects groundwater levels in the area, and I think
24 it's important to kind of get a good grasp on that.

25 We've heard a lot of talk about the Mangas

1 Fault, and that's the black line that runs in a
2 northwest/southeast direction on the northeast flank of
3 this area on this map. It's a regional fault. I think
4 the throw on this fault -- when I talk about throw, I'm
5 talking about displacement between the two blocks of
6 rock on each side of the fault.

7 I know you can't record that on your -- but
8 there -- and if you'll notice on your -- your handouts,
9 also, there's a U and a D associated with some of these
10 faults. That tells you that one block is downthrown
11 with respect to the other.

12 The Mangas Fault is a large regional fault in
13 the area as part of the -- based on the tectonic regime
14 that occurred across this area. It's got a throw on it
15 of at least, what I've been told, 1,300 to 1,500 feet.
16 So it's -- it's quite a large fault in the area, and
17 quite extensive, too.

18 Other major faults in the area include the
19 Sprouse-Copeland Fault. It's mostly buried under Gila
20 Conglomerate, sits on the east side of the mine here.
21 But it's a very important fault, and I'll be talking
22 more about that in a minute. It's oriented in a
23 north/south direction. And it is downthrown to the
24 east. So the west block towards the mine itself is the
25 upthrown block.

1 Another major fault in the area is the Burro
2 Chief Fault. You can see it kind of angling in from the
3 southwest, kind of curving northward up through the
4 mine, and actually, I think, goes into the pit in
5 places, or close to the pit, actually, just west of the
6 pit. It is downthrown to the east, as well. So the
7 upthrown block is higher than the -- the upthrown block
8 on the west side is higher than the block on the east
9 side.

10 Another major fault in the area that we will
11 hear about -- we've talked about already, actually -- is
12 the Southern Star Fault. It's located up on the north
13 side. Again, it's mostly a buried fault. It's buried
14 under Gila Conglomerate. It's downthrown to the north,
15 so the southern block is actually higher.

16 And those are kind of the major faults that
17 bound the area. We also have a couple of others.

18 You see the Virginia-Racket Fault. Actually,
19 there's no throw on it, and I don't really know what the
20 throw is on that particular fault. But we do have some
21 fairly large faults in the area, although we don't
22 really deal with them from a regulatory standpoint
23 because they're really deep within the mine, and not
24 very accessible, so we can't really talk about -- I
25 can't really give a whole lot of detail there regarding

1 those faults.

2 Q. Mr. Marshall, next could you describe the
3 surface water hydrology around the Tyrone Mine site, and
4 if you could do so with reference to NMED Exhibit Number
5 18?

6 A. Now, is that 18? Is that 18, or is that 19?

7 MR. BUTZIER: It's 14, isn't it?

8 MR. MARSHALL: There we go.

9 According to my poster here, this is
10 Exhibit 18. Okay.

11 This is perhaps not the best map to show the
12 drainages, so I'm going to refer back to Exhibit 17 here
13 in just a minute, because I actually think that, in a
14 lot of ways, shows the major drainages a little bit
15 more, but this actually does show some of the drainages
16 on the -- on the map -- around the Tyrone Mine itself.
17 I'll explain a lot more of these features in a minute.

18 But primarily the major features that we want
19 to talk about at the moment -- again, you see the -- the
20 mine itself, you see some light blue -- actually, they
21 appear to be almost green lines, in and around the mine
22 site. And these basically kind of outline where the
23 various discharge permits are within the mine.

24 Here within the Environment Department -- or
25 within the Groundwater Quality Bureau, when we talk

1 about discharge permits, we don't really talk about
2 boundaries that much, but nevertheless, it's also --
3 it's helpful to at least show the locations, and we do
4 that with lines, and we will do that throughout our
5 presentation here.

6 The black dashed line that runs from the
7 southwest to the northeast through the center of the
8 mine is the Continental Divide.

9 And what I want to talk about as far as
10 surface water drainages, they actually appear as light
11 blue lines, and they don't really show up well on this
12 particular map, so -- but I'll go ahead and point out
13 their general location and refer back to Exhibit 17.

14 Now, since we have the Continental Divide
15 running right through the center of the mine, we're
16 dealing with two river basins. We've got the Gila-San
17 Francisco River basin to the northwest, and we've got
18 the Mimbres River basin to the southeast. These are the
19 same -- these also correspond to the groundwater basins,
20 and I'll talk more about those in a minute.

21 But all the surface water basically northwest
22 of the mine kind of flows towards the Gila River, and
23 all the drainages southeast of the Continental Divide
24 flow eventually toward the San Vicente Arroyo and the
25 Mimbres River.

1 The major drainage, probably the largest
2 drainage in the area, is the Mangas Wash. And we've
3 heard about that one. It starts at the Continental
4 Divide on the northeast side of the mine and flows
5 northwestward, down a large valley, and eventually joins
6 with the Gila River.

7 Over here on the west side of the mine, you'll
8 see a word over there called Deadman Canyon. That
9 refers to a drainage that runs -- actually flows in a
10 northerly direction from the Continental Divide, along
11 the west flank of the central mining area, comes up
12 around the tailings and eventually joins with Mangas
13 Wash. And I'm talking about this particular drainage
14 right up here.

15 So those are the two major drainages on the
16 Gila-San Francisco side.

17 On the Mimbres side, which is down here on the
18 southeast side, we've got Brick Kiln Gulch. Brick Kiln
19 Gulch actually starts exactly where Mangas Wash does,
20 but it flows in a southeasterly direction off the
21 Continental Divide. It eventually joins with the major
22 drainage that comes along the southern part of the mine,
23 Oak Grove Draw, and they join together about a mile east
24 of the -- of the main central mining unit.

25 Q. (BY MR. DE SAILLAN) Can I interrupt you there

1 just a second --

2 A. Yes.

3 Q. -- Mr. Marshall?

4 Oak Grove Draw, is that also sometimes known
5 as Oak Grove Creek?

6 A. It's called several things. They all have Oak
7 Grove in them, creek, draw, wash. It's more -- most
8 commonly referred to as Oak Grove Draw. In this
9 particular -- yeah. They put creek on here. I didn't
10 make this map, so -- but yeah. Oak Grove.

11 So again, these two drainages join just about
12 a mile east of the site and then flow southeasterly from
13 there.

14 We have some other drainages farther up in
15 Mangas Valley, but I don't think it's really important
16 at this point to talk about those. They're tributaries
17 primarily to Mangas -- Mangas Wash.

18 Q. Okay.

19 Could you next describe the groundwater
20 hydrology around the Tyrone Mine, and again with
21 reference to NMED Exhibit Number 18?

22 A. In talking about groundwater hydrology of the
23 mine site, I kind of want to divide this up.

24 First of all, I want to talk about the basins.
25 We have two groundwater basins. They coincide roughly

1 with the surface water basins in the area. Again, we've
2 got the Continental Divide, that runs through the middle
3 of the mine, and the Gila-San Francisco groundwater
4 basin is the basin on the northwest side of the mine.

5 On the southeast side of the -- on the
6 southeast side of the mine, we have the Mimbres
7 groundwater basin. So all groundwater -- basically in
8 these two general areas, we have groundwater flow that
9 moves into these two basins from the Continental Divide
10 itself.

11 Now, Tyrone Mine -- they're mining the area,
12 and they've created several pits in the area. So the
13 pits themselves act as kind of miniature groundwater
14 basins. So groundwater in the vicinity of the pits
15 themselves actually flows into the base of the pits.

16 We've got the Main Pit, which is by far the
17 largest pit in the area, we've got the Gettysburg Pit,
18 which is located in the southwest corner -- or southeast
19 corner of the mine, and we also have the Copper Mountain
20 Pit.

21 Now, these two smaller pits do gather water.
22 The Gettysburg Pit gathers a little bit of water, does
23 intercept groundwater, Copper Mountain to a lesser
24 extent. But the Main Pit intercepts -- is the deepest
25 well and intercepts most of the groundwater on the site.

1 Now, on top of this second -- you know, aside
2 from the groundwater basins themselves, we also have an
3 aquifer system, and a rather complex aquifer system
4 here. We've actually got two aquifers. We've got the
5 regional aquifer, which we've heard a lot of discussion
6 about, and we've got an alluvial aquifer. And the
7 alluvial aquifer primarily coincides with a lot of the
8 major drainages in the area. They both exist on each
9 side of the groundwater divide.

10 I'd, first of all, like to talk about the
11 regional groundwater. It's a primary source of
12 domestic -- domestic water or domestic use in both
13 basins, including the Silver City -- Silver City itself,
14 its well fields, basically. This is the big aquifer
15 that they tap. It resides in different rock bodies
16 depending on which part of the -- you know, wherever
17 you're talking about at the -- in various areas. And
18 here that plays an important role.

19 I'd like to start off on the north side of the
20 mine itself. And when I say north side, I mean north
21 side of the central mining area.

22 Up here we -- on the regional aquifer is the
23 Gila Conglomerate. And the water is approximately 40 to
24 90 feet below ground surface in this area. It's fairly
25 accessible. It's been -- it's got a lot of historical

1 use associated with it.

2 On the east side of the mine -- and again, I'm
3 talking down here on the -- on the east flank -- and
4 south of the Mangas Fault, it also -- we have regional
5 aquifer. The regional aquifer down here is also the
6 Gila Conglomerate. The difference here is, though, the
7 depth of water is 500 to 600 feet below groundwater. So
8 that's an important distinction, and I'll talk a little
9 bit more about that in a moment.

10 So the regional aquifer on the east side, on
11 the north side, Gila Conglomerate. Within the mine
12 itself, it resides in igneous rocks, the Precambrian
13 granite, the Tertiary quartz monzonite. This is where
14 we've heard a lot of talk about fractures. In the Gila
15 Conglomerate, you're talking about an intergranular
16 porosity. The water resides between the grains of sand
17 and gravel that make up the Gila Conglomerate.

18 Within the igneous rock, it resides within
19 fractures. And that's a much more complex situation.
20 It's a very high -- variable hydraulic conductivity.
21 The permeability of the rock itself, you can have a good
22 well if it hits fractures, and you can have a not so
23 good well if it misses the fractures.

24 Now, again, I'll talk about the main pits in
25 the area. They are embedded -- the base of these pits

1 basically are in -- in the igneous rock. Okay. They're
2 down in the Tertiary quartz monzonite, the granite, I
3 don't know which. They've actually gone through the
4 Gila Conglomerate, most of these, at least the Main Pit.
5 And they collect regional groundwater at the base of
6 these.

7 The Main Pit itself pumps -- what I've been
8 told recently is about 1,300 to 1,400 gallons per
9 minute.

10 Now, the faulting that I talked about in the
11 area -- and I'll move back to Exhibit -- Exhibit 17
12 again. This is a geology map. We've talked about all
13 these faults. The faults actually affect the
14 groundwater levels in the area.

15 Some of the major faults that affect
16 groundwater level are, of course, the Mangas Fault, the
17 big fault that I talked about, runs over here -- it's
18 over here on the northeast side of the mine.
19 Groundwater in this area generally drops as you move
20 from north to south across that fault. It's at a
21 shallower level on the north side of the fault, it's
22 deeper as you cross that fault.

23 Sprouse-Copeland Fault, again, we see a drop
24 of groundwater as you move from west to east across that
25 fault. It drops from about 200 feet below ground

1 surface to about 500 to 600 feet below ground surface.

2 So substantially affects the level in that area.

3 Burro Chief Fault, we also see a drop here of
4 about 200 to 300 feet as you move from west to east
5 across the Burro Mountain. Again, the groundwater level
6 drops.

7 And the same thing with the Southern Star
8 Fault on the north side. As you move north across the
9 fault, the groundwater drops by about 200 feet.

10 And those are my estimates. I mean, they may
11 vary as you move along the fault, but I'm giving you
12 general numbers here, but -- I think you get the point.

13 I keep talking to this side. I'm sorry. I'm
14 ignoring everybody over here. I'll try to do better.

15 MS. PADILLA: We're listening anyway.

16 MR. MARSHALL: So the -- what's important
17 about this drop in level -- and you've heard this in
18 previous testimony already -- it gives a sense -- or
19 basically what it's doing is -- what we see is these
20 faults kind of act as a dam, they tend to restrict
21 horizontal flow as water moves up against these faults,
22 basically, and that's essentially what causes this drop.

23 Dr. Shomaker, though, also talked a lot a
24 bit -- a little bit about the significance of faults
25 putting one type of rock against another, and that's

1 also important. And that's, again, what kind of affects
2 the water levels in these areas. You've got a highly
3 conductive material such as Gila Conglomerate against
4 maybe a tighter rock such as Burro Mountain granite,
5 so -- and that's -- that's very true at this point.

6 The thing that's kind of significant about
7 these faults, though, it does significantly affect
8 Tyrone's ability to -- to exercise its pit capture zone
9 that we keep talking about, in other words, control the
10 water levels in the regional aquifer through pumping of
11 the pits. And we see that on the groundwater -- on the
12 groundwater level maps. And I'll talk a little bit more
13 about that in a minute.

14 Now, the other aquifer that we're talking
15 about in this area is the alluvial aquifer. And that's
16 not as extensive as the regional aquifer. It's located
17 in these alluvial channels. And that's those little
18 yellow channels that you see strung out all over the
19 place up here.

20 Q. (BY MR. DE SAILLAN) Mr. Marshall, could I
21 interrupt you just a second?

22 These alluvial channels that you're referring
23 to, do these roughly correspond with the surface water
24 streams that you were talking about a minute ago on the
25 other map?

1 A. Yes, they do. And they're actually -- on
2 Exhibit 17, they're delineated in this kind of light
3 yellow, which designates the presence of alluvium on the
4 geologic map. This is the -- this is the location -- or
5 approximate location, for the most part, of the alluvial
6 aquifers that we talked about in the area.

7 Now, the alluvial aquifers are where the
8 present day drainages have actually eroded into the
9 rock. And it may be igneous rock. Most of it in this
10 area is Gila Conglomerate.

11 They dug these large channels, it's filled up
12 with this very porous, sandy material, alluvium, and
13 water resides at that permeability barrier, at the base
14 of the alluvium, where it rests either on top of bedrock
15 or it rests on the -- when I say bedrock, the igneous
16 rock -- or it rests on the Gila Conglomerate itself.

17 Now, the groundwater -- depth to groundwater
18 in these -- in this -- in these particular aquifers
19 varies significantly, but generally it's on the order of
20 about 10 to 50 feet below ground surface.

21 The important thing to realize about this
22 aquifer, it's not affected at all by the pumping of the
23 pits. I mean, you can pump the pits as much as you
24 want, but this stuff remains perched or suspended within
25 the alluvium itself in these channels.

1 So that's kind of a brief synopsis of the
2 groundwater conditions in this area. I think we'll have
3 a little bit more discussion later on as questions come
4 up.

5 Now, the groundwater flow in the area is a --
6 is the other aspect that I want to talk about, and
7 that's actually the movement of groundwater within the
8 mine -- Tyrone Mine itself and around the Tyrone Mine.

9 Again, I've got Exhibit 18, I'll put back up.

10 Now, I've explained some of these features
11 already. We've got the Continental Divide. We've got
12 the surface water drainages. This is basically kind of
13 a rough topo map. The yellow -- the dots on the map
14 I'll talk a little bit more about in a minute.

15 I've actually got another map, Exhibit --
16 what's this one -- I think Exhibit 19 is the same map
17 just without the blue arrows on it or the Continental
18 Divide. It kind of clears up the map a little bit so I
19 can talk about the water quality, which I'll do in a
20 minute.

21 But first of all, I'd like to talk about
22 the -- the groundwater flow itself.

23 First of all, groundwater flow is recharge
24 from the southwest in the Big Burro Mountain. That's
25 basically where a lot of the recharge occurs.

1 Obviously, recharge occurs to some extent at the mine
2 itself, wherever rainfall falls. But basically what we
3 see in general is regional groundwater flows onto the
4 mine site from the southwest roughly parallel to the
5 Continental Divide.

6 So as it moves onto the mine site itself, we
7 see a divergence, basically, depending on which side of
8 the Continental Divide that the groundwater is on. But
9 groundwater generally moves in a northeast and in kind
10 of a more -- or northerly direction in the Gila-San
11 Francisco Basin, which is the area located on the
12 northwest side of the divide.

13 And on the southeast side of the divide, as
14 groundwater moves into the mine site, we see a
15 divergence more to the east and then down -- kind of
16 down Oak Grove Draw, basically, in that direction.

17 Now, obviously, with the pits and the pumping
18 of the pits at the Tyrone Mine itself, a lot of the
19 water that moves onto the mine site eventually moves
20 into the pits, primarily the Main Pit, but to a lesser
21 extent some of the other pits, as well.

22 Now, the pits at Tyrone -- the evaporation
23 from the pits does not exceed the amount of groundwater
24 moving into the pits. Okay? And that's in -- that's
25 kind of an important note to make.

1 I mean, the -- basically, the reason the pits
2 are drying out is due to pumping; however, if the pumps
3 would be turned off, and the groundwater allowed to fill
4 the pits, it would eventually fill up and spill over
5 into each groundwater basin, both the Mimbres
6 groundwater basin and the Gila-San Francisco groundwater
7 basin.

8 So the only reason it's not at this point is
9 because the pumps are being pit -- or the pits are being
10 pumped. That's kind of hard to say. The pits are being
11 pumped at this point. But this is not a natural
12 hydrologic sink out here. It's a -- it's a situation
13 where -- and actually, Tyrone actually had their own
14 consultants do a study of the groundwater filling in
15 this area.

16 And what it showed, basically, is that if the
17 pumps were turned off, okay, the -- within 40 to 50
18 years, the pits would fill to the point where we'd start
19 seeing water from the mine site, a lot of it being
20 contaminated, that would actually be moving into both
21 these groundwater basins, not just one, but two, because
22 we're sitting on the Continental Divide.

23 So we've got clean water coming off the Big
24 Burro Mountains. This is good stuff. This is good
25 stuff. I'll give you some numbers in a minute. But it

1 moves -- it moves in parallel to the -- into the mine
2 site here. And if it -- and like I said, with the
3 absence of pumping, it would become contaminated and
4 basically move off into two groundwater basins on each
5 side.

6 Now, right now that's being contained by
7 pumping of the pits and a lot of -- a lot of wells and
8 trenches and stuff that we'll talk about a little bit
9 more in a minute that's -- that's helping to contain
10 that to a certain extent. Not totally, but somewhat.

11 So just to kind of recap here, this is a very
12 complex hydrogeologic system, and I hope we can get the
13 Commission to kind of understand some of this. I know
14 some members understand it more than others given their
15 background.

16 But we've got two basins, two groundwater
17 basins, we've got two aquifers, we've got numerous
18 faults, and we've got several open pits, all that act to
19 kind of disturb this groundwater flow and influence the
20 groundwater flow in the area.

21 The mine straddles the Continental Divide
22 where we have these two groundwater basins. We've got
23 these two aquifers that behave independently of each
24 other. And we've got these numerous fractures and
25 faults that basically control groundwater in

1 unpredictable ways.

2 The mining activities themselves also act to
3 artificially influence the groundwater flow in this
4 area. So it's just a -- it's a very complicated
5 picture.

6 Q. Thank you, Mr. Marshall.

7 Now, let's move on to groundwater quality, and
8 I'd like you to begin with a description of the
9 groundwater quality prior to the discharge.

10 And here we can refer to NMED Exhibit Number
11 19.

12 A. Premining groundwater quality in the area.
13 Actually, we heard Mr. Blandford talk about this a
14 little bit, but actually there's not a whole lot of data
15 that goes all the way back before mining ever existed in
16 this area.

17 And I concur with that information; however,
18 there are some numbers in the area, some of which Tyrone
19 collected -- most of that data which Tyrone collected,
20 but there's also some -- been some existing wells in the
21 area.

22 But in general, regional groundwater around
23 1981 is water coming off the Big Burro Mountains. In
24 1981, it had a TDS in the -- on the order of 200 to
25 300 milligrams per liter and a sulfate concentration on

1 the order of 20 to 100 milligrams per liter. That
2 groundwater quality still stands today. It's still
3 pretty good stuff.

4 The alluvial aquifer, again, we're talking
5 about a TDS -- a background concentration -- not a
6 background, but basically what would be considered a
7 premining water quality with a TDS concentration on the
8 order of 210 to 380 milligrams per liter, sulfate
9 concentrations on the order of 30 to 100 milligrams per
10 liter.

11 Q. Okay.

12 Now, could you talk about current groundwater
13 quality and -- now you probably should get to NMED
14 Exhibit Number 19.

15 A. Now I'm going to get to it. Okay. Like I
16 said.

17 This is Exhibit 19. It's the same thing as
18 Exhibit 18, only I've taken some arrows off of it to
19 make it less cluttered, so I can talk about the little
20 dots, different colored dots that you see on the map.

21 These represent -- these, by far, don't
22 represent all the monitoring wells at the site. We're
23 talking about roughly 700 -- 750 monitor wells and
24 pump-back wells out here. But these show the locations
25 of a lot of the major wells. There are significant

1 wells on the site.

2 The different colors represent different water
3 quality.

4 The green dots that you see, those indicate
5 wells where groundwater standards are not exceeded in
6 either the regional aquifer or the alluvial aquifer.
7 Okay. So that's important. That green color stands for
8 both aquifers.

9 The red dots indicate wells where we have
10 exceedances of groundwater standards in the regional
11 aquifer.

12 The orange dots represent exceedances in the
13 alluvial aquifer.

14 And the purple dots -- and there's just a
15 couple of them, and we've heard testimony about this
16 already, but these are wells where we have exceedances
17 just for manganese and fluoride.

18 And we see manganese and fluoride kind of pop
19 up in some of these wells, they exceed standards, but
20 there's really no source around to indicate that it's
21 due to mining activities. So I think it's kind of
22 important to distinguish those to some extent.

23 Now, groundwater at the mine site is,
24 obviously, heavily impacted by mining activities. A lot
25 of this is due to the discharge of leachate solutions by

1 Tyrone Mine to leach metals. That's what they're in the
2 business for. Some of it's also due to acid -- what's
3 referred to as acid rock drainage.

4 And I'd like to refresh the Commission's
5 memory a little bit about how that works. Acid rock
6 drainage occurs when you have sulfide minerals, minerals
7 like pyrite, which come in contact with water, oxygen
8 and these little bugs, these little bacteria. I forget
9 the name of them. I had it -- well.

10 In any case, those three things combined
11 create sulfuric acid, and the sulfuric acid, in turn,
12 leaches metals out of the rock itself, and it's this --
13 this liquid, this -- this fluid that eventually -- or is
14 responsible for contaminating groundwater if it makes
15 contact with groundwater.

16 Now, we've got two aquifers, they've both been
17 contaminated, and on both sides of the Continental
18 Divide.

19 I want to kind of start out and give you a
20 brief tour. I went into much more detail on this at the
21 last hearing. I'll spare the Commission this time
22 around. But I'm going to be a little bit more brief,
23 but feel free to ask questions.

24 The regional aquifer on the north side of the
25 mine -- and I'm talking just north of the Number 3 on

1 Exhibit 19. Maybe it's easier for me to just use the
2 screen up here so it's -- I think everybody can see it.

3 But in this particular area, you see a cluster
4 of red dots. That's the -- that's DP-286. The Number 3
5 Stockpile as it used to be referred to, it's now
6 referred to as the Number 3A Stockpile. That's the
7 leaching portion. The 3B portion is a waste rock pile
8 that sits right behind it on the edge of the pit. So
9 that's why it's a 3A and 3B now. Just a nomenclature
10 change by Tyrone.

11 This stockpile contamination was discovered
12 here back in 1990, rather extensive contamination that
13 showed up rather quickly, both in the alluvial aquifers,
14 and these are the alluvial channels coming out from
15 underneath the stockpile, and shortly outside the toe of
16 the stockpile they merge with the regional aquifer which
17 exists actually in the alluvium and the Gila
18 Conglomerate in this area.

19 So you've got the alluvial aquifer merging
20 with the regional aquifer, and we've got contamination
21 both within the alluvial aquifer and the regional
22 aquifer, because we have seepage going straight down
23 through the stockpile and into the regional and out, as
24 well.

25 The contamination was, obviously, significant

1 in this area, because -- I believe the well number now
2 is around 400 wells, both monitoring wells and pump-back
3 wells. We have pump-back trenches, we have surface
4 collection trenches. We've got a vast network -- I say
5 we. Actually Tyrone does.

6 Tyrone has a vast network of collection
7 systems out here and monitoring lines going farther out
8 into the valley to not only collect the renegade PLS
9 that has moved offsite, but to monitor and make sure
10 that those capture systems are actually working.

11 That's the north side of the mine.

12 If we move down to the west flank of the mine,
13 we've got Oak Grove -- I mean not Oak Grove Draw -- this
14 is Deadman Canyon. It's a pretty little canyon, wanders
15 down the -- it flows from the south to the north. Right
16 along the flank, up on the top edge of the canyon, you
17 can you see the stockpiles. We have the 2A Stockpile
18 and as well as portions of the Number 2 Stockpile that
19 border that canyon.

20 The USNR leach system, which is a historic
21 operation that Tyrone has acquired the property of now,
22 they were also in this canyon. And some of the
23 contamination that's in this canyon is due to their
24 operations as well as seepage that occurs from the 2A
25 Stockpile itself.

1 Another stockpile just to the south of the 2A,
2 which is called actually the 2B Waste Rock Pile, that's
3 actually where a lot of the seepage is coming from.

4 The major seepages in this area are the 5E
5 Seep and another seep called the DC2- -- DC2-1, I think.
6 We've got ARD coming off the waste rock pile that moves
7 into this canyon that's contaminated both the alluvial
8 aquifer, which has a relatively thin veneer of, again,
9 alluvium, this time sitting on hard rock. It's on --
10 it's on igneous rock in this area.

11 The fractured regional aquifer in this area
12 has also been contaminated by seepage from the
13 stockpiles on this side of the mine.

14 Now, moving around to the south side of the
15 mine, this is where Oak Grove Draw is. It starts over
16 here. Again, the Continental Divide is in this
17 direction. Again, it trends, you know, southwest to the
18 northeast. It starts up at the Continental Divide,
19 moves around along the south edge of the mine and then
20 offsite.

21 Down here on this side, we have portions of
22 the Number 2 Leach system, on the southwest corner, but
23 we've got -- primarily what borders this drainage is
24 DP-396. It's a waste rock pile and extends -- actually,
25 the boundaries of this permitted facility have extended

1 over time, but it extends on a major portion of Oak
2 Grove Draw, along the southern perimeter.

3 Now, this stockpile has never been leached.
4 So we're not talking about leachate in this stockpile.
5 We're talking about ARD in this stockpile. This is the
6 acid rock drainage. This is leachate that's occurred
7 from rainfall basically falling on the pile, becoming
8 contaminated and coming out the toe of the stockpile.
9 It's contaminated both the regional aquifer extensively
10 in this area, as well as the alluvial aquifer in this
11 area.

12 This is a stockpile that actually I started
13 reg -- I came on board with the Tyrone -- or regulating
14 facilities here at Tyrone back in -- about 1994, started
15 with the Groundwater Quality Bureau in 1993. And this
16 is one of the first facilities that Tyrone actually
17 approached me with as a regulator. They wanted to
18 actually leach this stockpile, and they approached us
19 back in 1995 or something to that extent.

20 It was at that time that we issued a letter, I
21 think in May of 1996, that stated that groundwater had
22 already been contaminated at this facility and that they
23 cannot -- they cannot leach it, but they still needed a
24 discharge permit, because now they had a discharge of
25 ARD coming out the bottom. Therefore, they needed a

1 permit for that discharge.

2 So they conceded, basically, applied for a
3 discharge permit for 396, and that's how that particular
4 stockpile has gotten its -- its discharge permit. But
5 it is a little bit different from most of the other
6 facilities within the central mining area that --
7 because those are all leaching facilities.

8 Now, over here on the east side of the mine,
9 this is -- this has kind of got a long history. We've
10 got three leach -- we've got three leaching facilities
11 in this immediate area. We got the 1A Stock -- 1A Leach
12 Stockpile, which is located right here on the east side.
13 Just north of it is the 1B Leach Stockpile. And we've
14 got the Number 1 Leach Stockpile that sits out here on
15 the other side of Highway 90, which runs north/south
16 right along the east flank of the mine.

17 This is, again, one of the first facilities I
18 regulated when I first came on board with the
19 Groundwater Quality Bureau. I renewed this permit in
20 1995. I required that they drill a new regional monitor
21 well right up as close to the toe as they could get on
22 the east flank of the mine.

23 When they started drilling that well in 1996,
24 they discovered PLS at 20 feet below ground surface.
25 Okay. And that's -- some of the Commissioners have

1 heard this before, but I'll just reiterate. But
2 basically, that's -- that kicked off a rather massive
3 corrective action plan to discover where the leachate
4 was coming from and if there were other sources in the
5 area.

6 Daniel B. Stephens was the lead project on
7 this. I think they opened up an office in Silver City
8 after this occurred. But primarily it led to a large --
9 a large number of wells being drilled.

10 As contamination was discovered coming out of
11 the 1C, the 1A, the 1B Stockpiles and the Number 1
12 Stockpile, all coming out through these alluvial
13 channels, in the alluvial aquifer, into the major
14 drainages, and the plume extended three-and-a-half miles
15 offsite, that's when they -- that's when they -- that's
16 where it was by the time they discovered it, about a
17 half mile from their own Mimbres production wells, which
18 are located down in Oak Grove Draw.

19 We've heard some talk about that from
20 Dr. Shomaker.

21 So we've got extensive contamination in all of
22 these. They put in a series of transects, pump-back
23 systems all the way down to capture this, this -- these
24 fluids basically, and contain them. That -- those
25 pump-back systems are still in effect.

1 They have dried up certain portions of the
2 alluvial aquifer, mainly the section of Oak Grove Draw,
3 right where it leaves the east side of the mine, and
4 merges with Brick Kiln Gulch. That section is primarily
5 dry now due to a rather large collection system that
6 they put in in Oak Grove Draw, right here at the --
7 along the east side of the -- of the -- of the mine
8 itself.

9 However, there's other sections, especially
10 the section of Brick Kiln Gulch between the Number 1
11 Stockpile down at Transect 7, where we still have fluid
12 in the alluvial aquifer, and they continue to pump it
13 out and pump it back up to the mine and process it for
14 copper.

15 But it's -- it's been very persistent. They
16 have not been able to eliminate that -- that particular
17 contamination at this point. And we largely suspect a
18 lot of that has to do with the Number 1 Stockpile
19 itself. And they're in the process of moving towards
20 closure on that, so hopefully we'll see some remedy in
21 that particular area.

22 Also on the east side, though, we've got the
23 regional aquifer. And if you'll remember me telling
24 you, it's in the Gila Conglomerate, and it's at 500 to
25 600 feet below ground surface. Okay.

1 For a long time -- and this is in the record.
2 I mean, there's statements that they didn't -- they
3 really didn't think groundwater existed out here because
4 it was so deep. But it does. And they've got several
5 regional monitor wells out here now.

6 Now, the spooky thing about the regional
7 contamination out here is it doesn't show up in a
8 continuous wave like coming off the mine. It doesn't do
9 that. It shows up in -- in just certain wells at
10 various locations around the mine site.

11 And you can see those -- it's kind of hard to
12 distinguish the oranges dots from the red dots on your
13 map, but we've got several up here. MB-27 is that red
14 dot right up against DP-363. That's the one that we
15 required them to -- that I required them to drill upon
16 renewal in -- 1995 renewal. That has been exceeding in
17 sulfate and TDS ever since they drilled it, and it
18 continues to -- continues to exceed standards.

19 But if you step just off that -- we move just
20 off that -- away from the boundary of the mine just a
21 little bit to MB-41, it's clean. That's that green dot
22 right next to the red dot. So you'll notice that we've
23 got clean wells next to contaminated wells in this area.

24 But that's the thing that kind of concerns us
25 here. Again, as you go out near Oak Grove Creek, just

1 below where it says Oak Grove Creek, we've got another
2 red dot. That's MB-29. That's recently been replaced
3 by another well. They're both contaminated, and they
4 both -- again, we have increasing concentrations in
5 these wells. It's not like they're getting better.
6 They're getting worse. That's another well that's been
7 contaminated.

8 If we go up to the northwest of there, near
9 DP-383, you'll see another red dot. That's MB-36. We
10 required that one upon renewal, I believe. That one is
11 contaminated, also. And I think it's recently been
12 plugged, but I'm not entirely sure.

13 They were going to plug this well and drill a
14 replacement well, because they're doing some reclamation
15 out there, but I actually saw a recent hydrologic report
16 that still shows water levels and water quality numbers
17 coming in from that. So I have to double-check on that.

18 Again you'll see a couple of dots up near the
19 Number 1 Leach Stockpile. Let me point to those. Right
20 up here near DP-896. Those are some wells that are
21 actually just southeast of the Number 1 Stockpile
22 itself. They're contaminated.

23 Actually, the interesting thing here -- and
24 this is again just recent information. We've always
25 considered these regional wells. Now Daniel B. Stephens

1 is actually saying they may be perched wells. I haven't
2 had a chance to talk with Neil yet about that. We'll
3 have some more discussions about that.

4 Since the hearing in 2003, though, we've got a
5 new contaminated well. That's MB-33. It sits right
6 down here. It's in Brick Kiln Gulch. It's that red dot
7 that's just above where it says Brick Kiln Gulch on the
8 map. In 2003, they had not exceeded standards. It's
9 now exceeding standards. So this well has become
10 contaminated, too.

11 So we've got this kind of spotty contamination
12 showing up in the regional aquifer hundreds of feet
13 below ground surface, and really the next question is --
14 is how did it get there. And we really don't know yet.
15 There's speculation, there's postulation about that, but
16 we can tie a few things together about some of these
17 wells.

18 They're all near the alluvial channels that
19 are above them, near the surface. Those are
20 contaminated. So it's -- these wells are kind of
21 located near the contaminated alluvial aquifers at the
22 surface. MB-27 is near the Sprouse-Copeland Fault.
23 MB-33 sits right next to -- or fairly close to the
24 Mangas Fault.

25 So again, when it comes to how the

1 contamination reached there, you know, we can only
2 speculate on various contaminant pathways that occurred.

3 One is that it moved, you know, directly from
4 regional contamination within the mine, in an eastwardly
5 direction offsite.

6 Another possibility is it moved straight
7 downward from the contaminated alluvial -- alluvial
8 aquifer at the surface, straight down, or it moved down
9 the fault systems, the Sprouse-Copeland Fault, perhaps
10 the Mangas Fault, which some of these wells are actually
11 located near.

12 In other words, the faults themselves acting
13 as conduits for contamination -- from contamination at
14 the surface or with -- or where it's adjacent to the
15 mine and moving down into the regional aquifer in that
16 area.

17 We're not quite certain yet.

18 And we've heard -- you've heard talk about the
19 Stage 1 abatement plan that's currently in progress at
20 the Tyrone Mine. That's continuing. And we're -- we're
21 still in discussions with -- primarily with Daniel B.
22 Stephens regarding those contaminant pathways at this
23 point.

24 It's a big concern.

25 Q. Okay.

1 Mr. Marshall, next, could you describe the
2 past and current use of groundwater in the vicinity of
3 the Tyrone Mine?

4 And for this -- for this question, I'd like
5 you to refer to NMED Exhibits 21 through 24.

6 A. Excuse me for a second. I'm going to go get
7 another easel.

8 Okay.

9 Q. Go ahead.

10 A. All right. This is Exhibit 21. This
11 represents an inventory of wells graphically by
12 Frederick Trauger back in 1972. He did a tremendous,
13 thorough inventory of all kinds of wells within Grant
14 County. We've actually provided his report and his
15 table as Exhibit 20, in case anyone wants to reference
16 that.

17 I want to talk about that map for a second,
18 this particular map. These aren't as great as the
19 Daniel B. Stephens maps, because they have all the air
20 photos, but -- actually, we had an opportunity to use an
21 air photo here, but it didn't show up as well, so we
22 went back to the USGS topo map, and that's what the base
23 map is here. So this is dated information. Okay.

24 The disturbances that are shown in the Tyrone
25 Mine area, those are dated. It's not what exists today.

1 It's slightly altered in places, and I can talk about
2 that a little bit. For instance, the southeast corner
3 here has been chopped off. They moved that stockpile.
4 But for the most part, the locations of the mine
5 disturbances that you see here are pretty much in the
6 same location where they exist today, but there are some
7 changes.

8 Now, the blue triangles on the map represent
9 wells inventoried by Trauger. Again, the category of
10 wells -- we tried to group wells to represent those that
11 primarily represent domestic and agricultural use. And
12 that's what -- we feel we've done a pretty good job here
13 regarding these blue triangles on the map.

14 But this basically is a snapshot of what
15 existed in 1972 based on Trauger's inventory. I'm sure
16 it's not complete. And as a matter of fact, I think I
17 found some wells referred to by Tyrone in and around the
18 mine that perhaps don't exist here at this particular
19 point. They -- so I don't know if Trauger actually got
20 to all of them.

21 The purple triangles on the map -- they
22 primarily exist within the yellow circles -- those are
23 public supply wells. And the yellow circles themselves
24 represent the Silver City's well fields in 1972. So
25 there's two of them here.

1 Now, for -- there's -- there was a lot of --
2 there are also some wells logged by Trauger referred to
3 as mining wells, and we've removed those from the map as
4 I don't want to get into talking about exploration holes
5 and monitoring wells here. We're focusing basically on
6 domestic and agricultural wells.

7 The green line that you see in the center of
8 the map, again, this is for illustrative purposes. This
9 is not the MMD boundary, by any means. This was just to
10 kind of highlight -- since it didn't show up on this
11 map, I had the State Engineer's Office kind of draw a
12 line about around what he saw basically on the topo map.
13 So it's just to make the mine itself kind of stand out a
14 little bit.

15 Now, you'll see this red line. This is the --
16 this is a line that we drew at an approximate four-mile
17 boundary around the perimeter of the mine itself. We
18 did this just to get a well count of basically the wells
19 in the vicinity of the mine itself for comparison
20 purposes with another map I'm going to show you in a
21 second.

22 They used a four-mile radius primarily for a
23 couple reasons.

24 It's kind of a CERCLA thing. I think CERCLA
25 uses this primarily. We found some documentation. They

1 use a four-mile radius a lot of times when looking at
2 groundwater contamination around a certain site.

3 But I think more importantly, especially for
4 me, is this -- we've had -- we've had a couple of fairly
5 large episodes of contamination at the site. We've had
6 a three-and-a-half-mile plume that's extended off the
7 southeast side of the mine. And we've also had a major
8 dam break, Tailing Dam Number 3, that occurred back in
9 the early '80s that went down Mangas Wash for several
10 miles, as well.

11 So we felt, okay, four miles. We'll just use
12 that number. But it is somewhat arbitrary, other than
13 that -- that was the justification behind it.

14 The well count that we came up with within
15 this four-mile boundary is 84 wells, domestic,
16 agricultural, as best we could assess, based on
17 Trauger's inventory.

18 Now, I want to show you another map.

19 Again, I'm sorry for ignoring this side of the
20 room. Howard's getting all the attention.

21 MS. PADILLA: And that's perfectly fine.

22 It's just that when you do point to the maps,
23 could you point on the screen, though, please?

24 MR. MARSHALL: Okay. I'd be glad to.

25 MS. PADILLA: Thank you.

1 MR. MARSHALL: Maybe it was too much to do all
2 this, but -- okay.

3 This is Exhibit 22. Again it's the same area.
4 Again the -- oh, and there was one other line I actually
5 forgot to mention. That was a black line that wanders
6 down through the map here, on both maps, actually,
7 Exhibit 21 and Exhibit 22. That's the Continental
8 Divide. So that shows you the division between the two
9 groundwater basins in the area, as well. They're both
10 declared basins by the State Engineer's Office.

11 Now, on Exhibit 22, to get a more updated
12 inventory of wells as they exist, you know, fairly
13 recently -- and this is 2006, not 2007 -- we went to the
14 State Engineer's Office and asked them if they could
15 produce us a map basically reflecting what they've found
16 in the WATERS Database.

17 WATERS, that's in capital letters. I think
18 everybody has heard somewhat about this database, the
19 online database provided by the State Engineer's Office.

20 It's not perfect. We know it's not perfect.
21 As a matter of fact, when we went to look at the wells
22 that actually came out on this map, we noticed -- and
23 then I went online to check what was online, there's not
24 nearly as many wells online right now.

25 And that's due to some actions by the district

1 office down in Deming. They took a lot of the wells off
2 the database online because they felt it needed to be
3 cleaned up a little bit more.

4 Now, there's some arguments there maybe
5 between the Deming office and the Santa Fe office to
6 what's clean and what's not. I don't want to get into
7 it at this point.

8 I do want to recognize at this point this is
9 not a perfect database. I think Dr. Shomaker mentioned
10 a 20 percent give or take error here. I won't argue
11 with that. As a matter of fact, I'll talk a little bit
12 more about it in a minute.

13 But basically -- and again I'll point back to
14 the screen. But I do want to compare -- you know, the
15 reason I use the easels is I do want to compare these
16 two maps side-by-side and ask you to -- the Commission
17 to take a look at this, also. But this is just to kind
18 of give an idea of what's occurred in the last 35 years.
19 Okay.

20 Again, the features on Exhibit 22. Again, the
21 black line is the Continental Divide. The green line
22 shows the prime -- the primary mine disturbances around
23 Tyrone Mine.

24 The blue circles are again primarily domestic
25 and agricultural wells as we could group them according

1 to the various designations that the WATERS Database
2 uses. And it uses a lot of different designations for
3 different wells, so we had to go in and kind of pick and
4 choose basically what we thought were domestic and
5 agricultural and turn them all one color.

6 If you remember in Dr. Shomaker's map, he had
7 about 15 different colors. Well, we tried to get things
8 a little bit more consistent here for comparison
9 purposes.

10 So the blue dots represent agricultural and
11 domestic use primarily.

12 Q. And, Mr. Marshall, if I could --

13 A. Um-hum.

14 Q. -- interrupt you just a second.

15 In doing this exercise, you -- did you work
16 with the State Engineer's Office in identifying these
17 wells?

18 A. Yes, I did.

19 Q. Thank you.

20 Go ahead.

21 A. We have some purple dots. Again, these are
22 public supply wells. You'll see most of those exist
23 within the yellow circles, which are Silver City's well
24 fields. We now, in 2006, obviously, have four of them
25 instead of two. So they've expanded somewhat.

1 There's also some wells on here that are
2 brown. Again, those are undefined use. So I wanted to
3 point that out, also, over here on the -- those are
4 undefined. So we couldn't identify the use of those.
5 We went ahead and posted them on the map. We feel a lot
6 of them are probably domestic use, as well, since
7 they're in the populated areas.

8 Some green dots on this map are irrigation
9 wells. There's not many of them.

10 So primarily what we created is two maps
11 side-by-side to kind of give an idea of what's happened
12 35 years apart from each other regarding well use in the
13 area.

14 Again we have the red line, four-mile radius
15 around the Tyrone Mine site. We did a well count within
16 this -- within this boundary. Again the blue wells
17 which we signify as consumption wells.

18 Municipal wells, irrigation wells and
19 undefined wells combined together is 350 wells, versus
20 the 84. So we see about a fourfold increase in the
21 number of wells close to the mine site.

22 Now, we'll move to Exhibit 23, and move a
23 little bit closer into the -- so Exhibit 23, what I did
24 was I moved in close to the mine itself, because, again,
25 part of my talk here today is to talk about past and

1 present use of groundwater close to the -- close to the
2 mine itself.

3 So what I did here was -- is I focused a
4 little bit closer to the mine itself to take a look at
5 some of the wells in this area. I -- on this particular
6 map, I have posted both Trauger wells from 1972 as well
7 as the WATERS Database wells.

8 And again we use the same symbology. The
9 triangles are Trauger wells that were reported in 1972,
10 the round dots were what's reported in the WATERS
11 Database.

12 Again the green line shows the mine
13 disturbances. This is a little bit different than they
14 used on the others, but again we're just trying to kind
15 of highlight the mine disturbed -- disturbances in the
16 mine area, so it kind of stands out on the map a little
17 bit.

18 The black line is the Continental Divide
19 again, with the two groundwater basins on each side.

20 So starting in close, we've heard a lot of
21 talk about the Fortuna wells. Those are actually
22 located right up here, on the northeast flank of the
23 mine, near the mill site. There's a couple of them.
24 And they are in the WATERS Database, by the way. They
25 do exist.

1 This was actually -- this particular area is
2 actually the location of an old -- the old Tyrone
3 Townsite, basically is what it was. It was a town that
4 existed at one time. The old City Hall actually still
5 exists on the mine property. They've kept that
6 building. But it had a little thriving community at one
7 time.

8 They had several wells that supplied water to
9 the site. One of those is shown on here. I think there
10 was actually three, but it's -- it's unclear from
11 Trauger. We definitely have the location for this one,
12 at least, that I could find, and -- but either one or
13 the three wells that exist, it supplied on the order of
14 about 25 million gallons a month to the mine.

15 So historically there's been some significant
16 water produced in this area. And obviously, there's
17 significant water -- or water produced now for the mine
18 site, because the Fortuna wells are the potable water
19 source for the mine.

20 Another interesting thing that we found in the
21 Trauger database was this little red triangle that's
22 located up here to the northwest of the Fortuna wells.
23 It says Silver City Test Hole. That was a test hole
24 that city -- the Town of Silver City actually drilled
25 back in 1944, looking for water. It produced about 40

1 gallons per minute. It, obviously, was never turned
2 into a production well. They actually moved farther
3 north, where they have their well fields now.

4 Down here on the southeast corner of the site,
5 we have well O, which actually was a domestic well,
6 provided water for the Oak Grove Ranch located just off
7 the southeast corner of the mine. Potable water for
8 that ranch is now supplied by the mine itself. That
9 well was closed out, but it did supply potable water at
10 that time.

11 Trauger also reported a well associated with
12 the USNR Mine or leach facility located in Deadman
13 Canyon, over here on the southwest corner of the mine.
14 It was also reported as a very good producer, actually.

15 You'll see a couple of domestic wells in
16 there. Actually, one of the -- the southernmost
17 domestic is actually, I think -- we feel it's associated
18 with a spring that's actually in Deadman Canyon. I
19 don't know why we've got a domestic, but I think it's --
20 the spring was actually declared along with a dot that
21 appeared right on top of McCain Springs, up northward
22 from the mine itself.

23 And these, we feel, were probably declared
24 once the basin was declared, because they're reliable
25 spring sources, maybe used for stock purposes. I don't

1 know why we've got a domestic designation on that.

2 But these domestic wells right here on the
3 east flank of the mine, for the most part, do exist.
4 One, we believe, was associated with a trailer. There
5 was actually a guy living in a trailer right down in
6 Deadman Canyon, right next to the mine, until Tyrone
7 came in and bought him out in 1999, I guess closed in
8 the well. But he had a well right there in Deadman
9 Canyon.

10 Now, this is the WATERS Database we're talking
11 about, so I decided to do a little exercise here with
12 the WATERS Database, since I wanted to see if, you know,
13 these wells actually existed, basically.

14 So I contacted the Deming office and actually
15 asked them to verify and gave them the numbers of a lot
16 of these wells fairly close to the mine itself here, and
17 asked them if they could basically verify their
18 existence and give me their locations, which they did,
19 actually.

20 And I think actually Dr. Shomaker was about
21 right, came out about 20 percent actually. I've got to
22 hand it to him. That's a -- but the wells were actually
23 mislocated. Some of those were actually mislocated but
24 still within the -- the four-mile radius. So it doesn't
25 really affect the count. Some of them -- a couple of

1 them, I think, are way off base.

2 But they're mostly stock wells located on the
3 north side of the mine. About six of them came up with
4 different locations other than what this plotted out on
5 this map.

6 So I just want to bring that to the
7 Commission's attention. I know we're working with a
8 faulty database here. I didn't have time in preparation
9 for this hearing to go over the entire map, obviously,
10 at this point, so -- but again, when we compare the two
11 maps together, 2006 and 1972, we're trying to get a
12 general picture of how groundwater -- pressure on
13 groundwater supplies in this area has increased around
14 the Tyrone Mine.

15 I'd like to talk a little bit about the
16 alluvial aquifer, too, the alluvial aquifer which I
17 talked about these kind of shoestring aquifers that
18 exist below a lot of the major drainages in the area.

19 Trauger actually has a very interesting
20 historical report. He reports a lot of these -- these
21 alluvial aquifers. One in particular is located over
22 here on the west side of the mine. Again it's got a
23 little block associated with it. It's called Former
24 Ohio Mine Supply Well. This was actually dug in
25 California Gulch, in the alluvium down there, and this

1 he reports supplied the domestic water for entire mining
2 camp at one time.

3 So the alluvial aquifer is capable of
4 supplying fairly substantial water supplies for domestic
5 purposes. And Trauger reports a number of other
6 alluvial wells, most of which were actually used for
7 stock wells.

8 And they have seasonal fluctuations. They
9 do -- sometimes in the dry periods they go dry. A lot
10 of the wells, though, just kind of get lower in the --
11 in the fall, basically, and then they get recharged in
12 the spring. But they do exist.

13 A lot of those stock wells are in the township
14 just south of here. He reports as many as 20 alluvial
15 wells in that particular area.

16 Now, we have some public supply systems in the
17 area. I just want to briefly mention those. Exhibit 24
18 that we provided, NMED Exhibit 24, gives a list of all
19 the public supply systems, I think, in Grant County. I
20 just want to talk about a couple of them around here.

21 First of all, we, obviously, have the one that
22 provides the Tyrone Mine with -- with water, referred to
23 as the Phelps Dodge Tyrone, LLC, system. And it's
24 designated as serving 450 users.

25 We have the Burro Mountain Homestead, located

1 about two-and-a-half miles -- I don't think it's on this
2 map, I think it's just off this map -- two-and-a-half
3 miles southwest, up in the Big Burro Mountains. The
4 road to it actually runs right across the southern part
5 of the mine. This is designated as having 79 users.

6 In the Tyrone -- Tyrone Townsite itself now --
7 that now exists just on Highway 90 north of the mine.
8 It's about three-and-a-half miles northeast of the mine.
9 It's designated as having about 795 users. That town
10 still exists.

11 MS. PADILLA: I'm sorry. Where was that? Can
12 you point?

13 MR. MARSHALL: It's -- you know, it's hard. I
14 want to say it's right up here, in this area, but I'm
15 not entirely sure. It's kind of hard working off this
16 map.

17 MS. PADILLA: Thank you.

18 MR. MARSHALL: Actually, it may be a little
19 farther north. It's right on Highway 90.

20 So again, I think we -- this gives a fairly
21 good indication that groundwater in this area has been
22 used in the past, is still presently used, it's good
23 water quality.

24 People, I think, are interested in drilling
25 wells in this area, and that was most indicative -- or

1 most came to mind from me back in April of 2007, of this
2 year, when I got a phone call from Mr. Gonzalez, who
3 came here to speak with you gentlemen -- with the
4 Commission regarding this.

5 He actually contacted me in April and asked to
6 meet with me, said he was concerned about groundwater
7 quality in the area. He had some property in the area.

8 I didn't know where that was, but I was on my
9 way down the next week to meet with Tyrone personnel at
10 the mine, so I told him I'd meet with him.

11 I did. He showed me a map of the location.
12 We figured out where it was with respect -- it's
13 actually located about a few hundred feet off the main
14 gate. Actually, the main road to the Tyrone itself
15 actually runs right through the middle of his property,
16 those eight acres. It splits it -- maybe not splits it
17 directly in half, but it runs right through the middle
18 of it. So Tyrone does have an easement through his
19 property.

20 Mr. Schiff actually verified that that was
21 granted by his father, I think, who actually owned the
22 property at that time.

23 But regardless, Mr. Gonzalez did approach me
24 about wanting to maybe develop the property. He talked
25 about approaching Tyrone about purchasing the property.

1 They weren't interested. So he was interested in
2 developing the property, possibly a small mobile home
3 park. But he was interested in drilling a well there,
4 and he was concerned that the water below the site was
5 contaminated.

6 I told him I didn't know whether the
7 groundwater was contaminated below the site because
8 there's, obviously, no well there. I did inform him
9 that it was not likely that groundwater was contaminated
10 below the site because he's basically right on top of
11 the Continental Divide.

12 So if that straightens out any of the
13 conversations you heard from him, I'll lay the record
14 straight there.

15 But nevertheless, I mean, this was -- this
16 kind of highlights our concern about people moving into
17 the area and interested in drilling a well, and in this
18 in case within the mine boundary itself that Tyrone
19 proposes, or has talked about, so --

20 MR. DE SAILLAN: Okay, Mr. Marshall.

21 Q. Now I'd like to ask you, is it your opinion
22 that the Tyrone Mine site is a place of withdrawal of
23 water for present or reasonably foreseeable future use?

24 A. Yes, it is.

25 Q. And why is that?

1 A. Past as well as present use of groundwater
2 within and adjacent to the Tyrone Mine demonstrates the
3 importance of the resource in this area. In my opinion
4 as a hydrogeologist and as a regulator, the Tyrone Mine
5 is a place of withdrawal of groundwater for present or
6 reasonably foreseeable future use and always has been.

7 The Tyrone Mine -- the Tyrone Main Pit serves,
8 in effect, as a large well, effectively the second
9 largest well in New Mexico. Tyrone presently extracts
10 water from the Main Pit to use for industrial purposes.
11 After the mine closes, and for at least the next 100
12 years after that, Tyrone is required to continue to
13 extract water from the Main Pit and treat it to remove
14 contaminants.

15 Putting aside for a moment the Department's
16 skepticism that this pump and treat requirement can or
17 will be maintained for the next 100 years, the treated
18 water from the pit can then be used as a water supply
19 for domestic or agricultural use in the region.

20 Moreover, the use of groundwater in the
21 vicinity of the Tyrone Mine has increased substantially
22 in the past few decades. After Tyrone ceases operations
23 and closes the mine, potential users of groundwater will
24 encroach ever closer to the mine and perhaps within the
25 mine itself.

1 There are locations around and within the mine
2 and on both sides of the divide that individuals or
3 developers might install a well for domestic or
4 agricultural purposes.

5 In addition, there are hundreds of wells on
6 the Tyrone Mine that are currently used for monitoring
7 and remediation which could foreseeably be converted to
8 agricultural or domestic use in the future.

9 Q. Thank you, Mr. Marshall.

10 I'd now like to move for the admission of NMED
11 Exhibits Numbers 15 through Number 24.

12 MS. PADILLA: Is there any objections? Are
13 there any objections?

14 MR. MOELLENBERG: I'd have to object to
15 Exhibit 23 based on Mr. Marshall's testimony about
16 errors in the database. And I'd make the same objection
17 to Exhibit 22.

18 I think Mr. Marshall's testified that there
19 are exhibits -- or there are errors in the -- either in
20 the 2006 database or in the plotting of these wells such
21 that it doesn't appear to me that these maps are
22 entirely reliable as showing the locations or the nature
23 of the wells.

24 MR. DE SAILLAN: Madam Chair, I would respond
25 by, first of all, saying that Mr. Marshall qualified the